

PENNSYLVANIA HOUSE OF REPRESENTATIVES
REPUBLICAN POLICY COMMITTEE HEARING

- - - - -

IN RE: WATERSHED RESTORATION ASSESSMENTS UTILIZING THE
SWIM TOOL

- - - - -

MONDAY, APRIL 13, 2009

- - - - -

BEFORE: HON. STAN SAYLOR, CHAIRMAN
HON. SANDY MAJOR, MEMBER
HON. JOHN EVANS, MEMBER
HON. BRIAN ELLIS, MEMBER
HON. ADAM HARRIS, MEMBER
HON. CHRIS ROSS, MEMBER

Held at the Academy of Natural Sciences,
Ewell Sale Stewart Library, 1900 Benjamin Franklin
Parkway, Philadelphia, Pennsylvania, commencing at 1:30
p.m., on the above date, before Virginia Mack,
Professional Court Reporter and Notary Public.

CLASS ACT REPORTING AGENCY
REGISTERED PROFESSIONAL REPORTERS
1420 Walnut Street 133H Gaither Drive
Suite 1200 Mt. Laurel, NJ 08054
Philadelphia, PA 19103 (856) 235-5108

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

I N D E X T O T E S T I F I E R S

TESTIFIERS:	PAGE
ROBERT PECK, The Academy of Natural Sciences, Senior Fellow	4
DAVID VELINSKY, The Academy of Natural Sciences, Vice President	10
JERRY MEAD, The Academy of Natural Sciences, Senior Scientist	24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

(Whereupon, portions of the transcript
are marked inaudible, no sound system.)

P R O C E E D I N G S

THE CHAIRMAN: Good afternoon, and
welcome. The Academy of Natural Sciences traces its
origin back to 1812 involvement in environmental
research.

Several months ago I had the pleasure of
meeting with the Academy, at which point they informed
me that they had the ability to track and measure the
performance of specific Commonwealth environmental
programs, and given our recent focus of cutting costs of
programs -- the State legislators -- that are
ineffective. Part of the main reason is the current
budge crisis.

I thought it would be beneficial for us,
as our task force of cutting the budget, to come down
and look and listen to what the Academy can do and
perform for us, and I believe that a review of the
effectiveness of the Select B Program would be
beneficial to all of us to realize what the Academy can

1 offer us, as legislators, in cutting costs in
2 Harrisburg.

3 With that we will move forward with the
4 hearing.

5 MR. PECK: Thank you, Mr. Chairman, and
6 good afternoon ladies and gentlemen. We are delighted
7 to have you here today. My name is Bob Peck and I am
8 the Senior Fellow of the Academy, and it's my pleasure
9 to welcome you here on behalf of our President and CEO
10 Dr. William Brown, who unfortunately, is traveling out
11 of the country today and is unable to be with you. He
12 joins us all in extending a warm greeting. He has asked
13 me to give just a brief bit of background of the
14 Academy's history to put into context the testimony that
15 you'll be hearing from my colleagues in just a few
16 moments.

17 We're seated here in the Reading Room of
18 the Ewell Sale Stewart Library, which is arguably the
19 best natural history library in North American. We have
20 about 200,000 volumes here, not all of which are
21 visible, obviously, they're back in the stacks, they
22 date from the 16th Century right up to the present time
23 and we're also surrounded by wonderful portraits of some
24 of the leading scientists of the 19th Century and

1 running up to the present time. These were the people
2 who really pioneered the study of natural history here
3 in North America.

4 Since our founding in 1812, the Academy
5 has played a leading role in biological research. Its
6 mission early on was to identify organisms throughout
7 the country and around the world and to begin to
8 understand how they were related to one another. In the
9 course of that time, over almost 200 years, we have
10 amassed over 17 million biological specimens here at the
11 Academy, which are kept more or less as a library of the
12 living world unrivaled resources for a study of DNA and
13 many other things. These include important historical
14 collections.

15 He have, for example, Thomas Jefferson's
16 Fossil collection here, you may have heard a little bit
17 about that at lunch. We have the plants that were
18 collected by Lewis and Clark on their famous voyage
19 across the -- journey across the country. We have John
20 James Audubon's bird skins, the actual specimens that he
21 used as the models for his great book "Birds of America"
22 which you also seen our subscription copy in the case
23 over there.

24 So for almost 200 years it's through the

1 Academy that students, scientists, government agencies,
2 museums, conservation organizations and leaders like you
3 have turned to under the complex intricacies of nature.

4 Many of the disciplines of science, the
5 study of birds, ornithology; the study of insects,
6 entomology; the study of fossils, paleontology had their
7 start right here in the Academy and these portraits
8 reflect some of the founding fathers of those
9 disciplines: Botany, the study of plants; the study of
10 reptiles and amphibians, herpetology; the study of fish,
11 Ichthyology; study of mammals and minerals, mammalogy
12 and mineralogy also gained international prominence
13 under the auspices of the Academy. And many of the
14 early findings were published in our journal
15 proceedings.

16 The other area that we have led in is
17 the study of environmental quality, and particularly
18 water quality, fresh water quality. Beginning in the
19 1930s Dr. Ruth Patrick, whose portrait is hanging there,
20 just to the left the door, pioneered ways of looking at
21 water and you'll be hearing much more about this from my
22 colleagues David Velinsky and Jerry Mead.

23 During the 1940s and '50s she defined
24 criteria for aquatic health that are now used as

1 standards around the world. She has also won virtually
2 every medal there is to win in the field of science,
3 short of the Nobel Prize, and she is still coming in to
4 see us everyday. She is 101 now -- at least until
5 Christmastime she came in to the Academy every weekday
6 from 9 to 5. She is quite a formidable figure and a
7 role model for many of us.

8 At the Patrick Center for Environmental
9 research, named in her honor, we undertake large and
10 complex environmental assessments of fresh water systems
11 in Pennsylvania and around the world.

12 I have spoken very briefly of our
13 scientific research. We have about 150 scientists who
14 do work all over the world in virtually every
15 discipline, but I should also mention our educational
16 outreach programs. Since the earliest days in the
17 Academy's existence, we have been committed to public
18 education. Our public lectures on topics ranging from
19 botany to mineralogy began as early as 1813 and our
20 museum became a public space forum as early as 1828.

21 The museum is a wonderful welcoming and
22 non-threatening setting where people of all ages,
23 beliefs and educational backgrounds can come to learn
24 about the natural world, and I think you saw some of

1 that energy and activity out in the public halls today.

2 Our award winning WINS program, which is
3 an acronym for Women In Natural Sciences, now in its
4 27th year, provides a safe, after school setting where
5 traditionally underserved girls have been given rigorous
6 scientific training, and many of them have gone on to
7 careers in the natural sciences.

8 As we approach our bicentennial, in
9 2012, we are poised to strengthen and expand our role as
10 a leader in the environmental research, education and
11 exhibition.

12 We have done a master plan as part of
13 that anniversary and are now also poised to begin to
14 bring our 133 year old building up to modern standards
15 for our research and education programs.

16 We greatly appreciate the support we
17 have received from the Commonwealth of Pennsylvania over
18 the years, beginning in 1817, when you approved our
19 charter.

20 Now, I realize that the Committee has
21 other business today, but I would be remiss if I
22 didn't mention that we have recently requested some
23 funding for our renovation efforts and we will look
24 forward to talking to you further about that.

1 Of all of America's natural science
2 museums, none has a longer or more distinguished record
3 of environmental research, education and exhibition.
4 Yet, because of the enormous scope of the Academy's
5 activities not many of our fellow citizens are aware of
6 all that we do. We are delighted, therefore, that you
7 are visiting us today to get a firsthand overview of the
8 institution and its activities.

9 We have chosen just one of these
10 activities, our work on fresh water ecology, to talk to
11 you in detail about this afternoon.

12 With that, I would like to introduce my
13 friend and colleague Dr. David Velinsky.

14 THE CHAIRMAN: As he is making his way
15 forward and preparing to show, Brian, why don't you go
16 around and start the introduction.

17 MEMBER ELLIS: I'm State Representative
18 Brian Ellis, from the 11th District, in Butler County.

19 MEMBER HARRIS: I'm Adam Harris, 82nd
20 District, Juniata County, Mifflin County and Snyder
21 County.

22 MEMBER EVANS: John Evans,
23 representative of the 5th Legislative District in Erie
24 and Crawford Counties.

1 MEMBER MAJOR: Sandy Major, representing
2 the 111th Legislative District which includes part of
3 Susquehanna, Wayne and Wyoming up in Northeastern
4 Pennsylvania.

5 MEMBER ROSS: Chris Ross, 158th District
6 for Central and Southern Chester County.

7 THE CHAIRMAN: I'm State Representative
8 Stan Saylor, York County, 94th District and I'm the
9 Republican Policy Chairman. I would like to add that
10 Representative Major is our Republican Caucus Chairman
11 of the Republican Caucus, so we have two republican
12 leaders here today.

13 Go ahead, David.

14 MR. VELINSKY: Thank you, Chairman
15 Saylor and members of the Republican Policy Committee.
16 Welcome to the Academy of Natural Sciences. I am David
17 Velinsky, head of the Patrick Center for Environmental
18 Research here at the Academy.

19 It is an honor and privilege for us to
20 host and address this important legislative body. We
21 applaud your efforts to make the government of our
22 Commonwealth more efficient and effective, specifically
23 in the areas of environmental programs. We also want to
24 help you understand the ways that our institution can

1 act as a source of information and expertise as you
2 struggle to make the determination on how best to
3 apportion scarce funding.

4 My colleague, Bob Peck, has told you a
5 little bit about the history of the Academy and the
6 Patrick Center and the current activities. I would like
7 to now expand a little bit on the Patrick Center's
8 history, looking specifically at our investigations on
9 how humans affect water and watershed systems.

10 My colleague, Jerry Mead, after I give
11 up speaking, will then demonstrate a particular computer
12 based tool to make watershed restoration more
13 goal-directed and cost-effective.

14 Environmental research at the Academy
15 began in earnest in 1947 with Dr. Ruth Patrick's
16 groundbreaking research on the environmental health of
17 the Conestoga River in Central Pennsylvania. Dr.
18 Patrick went on to pioneer an entirely new field of
19 research that focused on assessing and improving the
20 health of ecosystems. She developed the use of
21 indicator organisms, a method now universally applied in
22 ecosystem assessment on local and state environmental
23 managers. She made early advances in evaluating how
24 human activities affect the environment, especially

1 aquatic systems and watersheds.

2 Dr. Patrick, now nearing 101 1/2, to be
3 more specific, has received many honors and accolades
4 for her work, including membership in the National
5 Academy of Sciences and the National Science Medal, I
6 guess in the late 1990s is when she got that medal. She
7 is recognized as one of the most important environmental
8 scientists of the 20th century. Some folks call her the
9 "Den Mother of Ecology," but some of us here call her
10 mom, believe it or not.

11 The work created some of the basic
12 premises that are still part of the Academy's research
13 today. They add up to the core idea of environmental
14 understanding, which is a systems approach.
15 Understanding the whole system is the best way to
16 understand the subject and the best way to make policies
17 that will protect the natural systems and improve the
18 quality of human life.

19 There are five areas I would like to,
20 sort of, summarize a little bit about Dr. Patrick:

21 First Dr. Patrick's work demonstrated
22 the importance of streams and rivers to both the natural
23 and human environments. They are sort of like the blood
24 vessels in the watershed. They transport the water

1 through the watershed and act as sort of a conduit of
2 all the energy flowing through the watershed.

3 Understanding and managing the central
4 role of freshwater systems remains a critical goal of
5 the Academy of Natural Sciences.

6 Second, to study these systems, Dr.
7 Patrick and the Academy, unlike many others at that
8 time, considered the entire ecosystem within a
9 watershed, that is all of the living and non-living
10 systems that make up the overall waterway and watershed.

11 Third, understanding ecology at this
12 level requires interdisciplinary approach. Over the
13 years, the Academy has been the home of some of the
14 world's greatest freshwater ecologists on topics such as
15 fish, insects, aquatic plants, microscopic algae,
16 streambank morphology, water quality and a host of other
17 important areas.

18 Fourth, the Academy researchers
19 determined that the quality of water for human and
20 natural use requires a healthy functioning ecosystem
21 with a variety of organisms all interacting. The
22 importance of biodiversity is a central concept for
23 ecology today, and it was first demonstrated by Dr. Ruth
24 Patrick's field team. One of her quotes is "Diversity

1 Is The Key Of A Healthy Ecosystem," and when we do the
2 tour of the Patrick Center you will see the sign with
3 that saying. That's something that she coined.

4 Fifth, our work on the environment has
5 always recognized that humans are constantly impacting
6 the ecosystems. The goal set down by Ruth Patrick, use
7 without abuse, is just as relevant today and is the
8 basis of the modern concept of sustainability.

9 Lastly, the Academy has maintained and
10 practiced scrupulous scientific objectivity in their
11 work. The studies of nearly 18 million specimens in our
12 collection represent a storehouse of data that she has
13 collected, as well as others in the Academy, for future
14 work and study.

15 We are, of course, extremely proud of
16 Dr. Patrick's work and the role she played in developing
17 our environmental research program and in the historical
18 contributions the Academy has made to the overall
19 environmental sciences.

20 But we also understand that this is only
21 the beginning of the high level research by the Academy
22 that continues to this day. Over the years,
23 environmental research has become a major segment of the
24 Academy's operations, representing about 20 percent of

1 the staff and 1/3 of the annual operating budget. We
2 are, in fact, one of the few natural history museums in
3 the country that conducts research on both theoretical
4 and applied environmental science along with
5 collection-based science that goes on in the Academy,
6 and we believe that this mix of collections-based and
7 environmentally-based provides us with the information
8 to make practical, real world solutions to a lot of
9 different problems.

10 Today, the Academy's environmental
11 group, named in Dr. Patrick's honor in 1983, is involved
12 in a variety of research projects. Many of them relate
13 to watershed health and management, and in understanding
14 human impacts on the aquatic environment. Our work
15 covers topics with intense social and economic
16 implications: Water supply, water quality, flood
17 control, stormwater abatement, chemical contamination of
18 the ecosystem, and the overall health of the natural
19 systems on which both our health and economy all depend.

20 The Center is currently organized by
21 scientific discipline with about 5 sections, headed by a
22 Ph.D. level scientist, and staffed by a team of junior
23 scientists and technicians.

24 Fisheries, which focuses on the dynamics

1 of fish populations and how they affect the ecological
2 conditions; Biogeochemistry, which is my section, which
3 studies the movement and fate of nutrients, contaminants
4 and other materials through the environment.

5 Stream macro invertebrate ecology, which
6 studies the various insects in the stream, and this
7 position we currently have an opening for.

8 Phycology, which is the study of algae,
9 particularly the environmentally important algae known
10 as diatoms -- this is a diatom here (indicating) -- this
11 is what Ms. Patrick used in her research for her
12 doctorate in the '30s and '40s -- and how diatoms can be
13 used to understand water quality and ecosystem health.

14 And lastly Watershed Modeling, which
15 uses sophisticated statistical and computer-based
16 methods to assess and predict the conditions and changes
17 of watersheds.

18 Last year we initiated a new group
19 called the Center for Environmental Policy in the
20 Patrick Center. The purpose is to enhance and expand
21 the Academy's contributions to environmental policy
22 making by building public awareness, supporting decision
23 making, and researching specific policy areas. The
24 Center for Environmental Policy acts as the outreach arm

1 for the Patrick Center and the Academy.

2 How can this long and deep
3 interdisciplinary expertise be used to improve the
4 effectiveness of environmental work carried out by the
5 Commonwealth? That's the question. In particular, in
6 recent years a great deal of effort and money has been
7 put into environmental restoration projects through
8 programs like Growing Greener. Through which the
9 Academy has received its support in the past years.
10 Often these are popular undertakings, these restoration
11 efforts, and can involve the active participation of
12 various community groups. However, because these
13 projects involve long-term changes over time and space,
14 it is difficult to assess what, if any, positive effects
15 these restoration programs are actually having.

16 These programs also cost money, and your
17 presence here today demonstrates how seriously you take
18 your obligation to ask: Are we spending wisely? I say
19 that, speaking for an institution that firmly believes
20 in the need for ecological restoration, but I am also a
21 taxpayer. I think we must spend money, to be sure, but
22 with a clear understanding of the limits of its
23 effectiveness, and more importantly, we should undertake
24 it with a determined effort to develop techniques that

1 will help reduce the uncertainty and increase the
2 effectiveness. This is true in the environment as it is
3 in education, transportation or any other matter that is
4 the obligation of the Government when times are good as
5 well as when times are bad.

6 We are here today to look at some of
7 these tools to make efforts more efficient. Why
8 environmental restoration has become such an important
9 issue -- the question is, Why do we do this restoration?
10 Despite 30 years of efforts to control discharges and
11 contaminants, the U.S. Environmental Protection Agency's
12 2004 National Water Quality Inventory estimates that
13 over 40 percent of the rivers and streams in this
14 country remain ecologically impaired.

15 Local, state and federal efforts have
16 been effectively controlling the so-called point source
17 pollution, but we now realize the majority of stream and
18 river impairments are the result of non-point source
19 pollutants. These include agricultural runoff, erosion
20 and urban stormwater runoff as well. Pennsylvania's
21 efforts, on behalf of the Chesapeake and Delaware Bay
22 Program, sometimes with the assistance of the Academy,
23 have helped to demonstrate this fact.

24 It is now well understood, in part

1 because of the pioneering work of Ruth Patrick and
2 others at the Academy, that human actions can impair
3 waterways and degrade water quality. These impairments
4 have enormous social and economic impacts. Safe,
5 adequate water supplies are essential to the life and
6 livelihood, and badly managed watersheds can cause major
7 disruptions to individual, civic and commercial
8 activities.

9 Maintaining water supplies and the
10 watersheds that support them has been recognized as a
11 Government responsibility for many years. In fact, an
12 interesting example of this can be found right here
13 upstream from where the Academy is on the Schuylkill.
14 The vast Fairmount Park system, the largest urban park
15 in the world, exists solely because it was recognized in
16 1840 that deforestation degraded water quality. The
17 forested regions of Fairmont Park were intended to
18 ensure the protection of the Schuylkill River, from
19 which the City drew its drinking water supply.

20 It should also be noted that protecting
21 and restoring healthy ecosystems to ensure water quality
22 has enormous economic implications. Sometimes called
23 "ecosystem services," the financial value of such
24 processes can be calculated using good scientific

1 information and a cost-benefit technique. A famous
2 example of this was in New York City where a billion
3 dollar purchase of riparian forests ultimately saved the
4 City almost \$7 billion in capital costs for water
5 filtration. Similarly, flood damage is regularly the
6 most costly natural disaster in any given year;
7 prevention of flooding, due to proper watershed
8 management, offers huge potential savings.

9 As we have become more aware of the
10 complex interactions of waterways and their watersheds,
11 and of the damage to them that can result from human
12 actions, both state and local governments have taken a
13 variety of actions to prevent or correct problems.
14 These have ranged from land acquisition and protection
15 of wetlands to replanting trees, reconstructing stream
16 banks and removing dams that have outlived their
17 usefulness. These latter activities are part of a group
18 of efforts sometimes known as watershed restoration.

19 The EPA defines restoration as "the
20 return of an ecosystem to a close approximation of
21 conditions that existed prior to disturbance." In
22 restoration, ecological damage is repaired, not to
23 pristine condition but to better ecosystem function or
24 service. But the structure and functions of the

1 ecosystem are only recreated.

2 Because the riparian zone of the stream
3 represents the direct point of contact between the
4 stream and surrounding landscape -- this area here is
5 the riparian zone (indicating) -- it is often the site
6 of many restoration efforts. Usually these projects
7 attempt to re-establish the natural stream bank features
8 that were disturbed by human activities; they might
9 involve enforcing an undeveloped buffer of a distance
10 around the waterway, re-introducing trees and other
11 plants to the riparian zone or correcting damages to the
12 stream bank.

13 It has just recently been found that
14 stream restorations near urban areas can substantially
15 and measurably reduce the amount of nutrient flowing
16 through a stream system.

17 Because the damage done to watersheds is
18 often obvious, like deforestation or damming of a river,
19 it is assumed that restoration methods should be equally
20 obvious. Reforestation, dam removal and other methods
21 may be undertaken with limited study or consideration.
22 But sometimes obvious is not so clear. Dam removal is a
23 good example of this paradox. Back in the day small
24 dams were used for local power, like a grist mill or

1 flood control. Many of these dams have now fallen in
2 disrepair and in some cases are hazards. Dam removal is
3 one of many practices that are used to accomplish stream
4 and watershed protection and restoration. Here's a
5 photograph of a restoration project we undertook in the
6 Manatawny Dam in Pottstown.

7 The Academy's interdisciplinary team of
8 scientific specialists has pioneered the study of dam
9 impacts and removal. The Patrick Center has received
10 two Growing Greener awards to focus specifically on dam
11 removal and have published numerous research and
12 management articles outlining the monitoring,
13 restoration impacts and their removal.

14 Even less attention has been given to
15 assessing the overall, long-term impacts of other
16 restoration methods. Reforestation of stream banks, for
17 example, requires considerable effort and resources.
18 The types of projects are undertaken as much for social,
19 political or aesthetic considerations than for any
20 scientifically established purpose. Importantly, the
21 benefits may never be clearly demonstrated or known, as
22 there are an enormous number of factors besides
23 deforestation that may impact a stream.

24 From what I've said so far, it might

1 sound like I'm contradicting myself. On the one hand,
2 human actions have impaired and degraded a variety of
3 streams and rivers, have impacted the functions of the
4 watershed and endangered the supply and safety of usable
5 water. Given the circumstances, it only seems logical
6 that I would be in favor of any programs or expenditures
7 to repair or restore these functions and to implement
8 policies to address the most critically impacted streams
9 with the most comprehensive methods available.

10 However, as a scientist, I know we
11 sometimes undertake these actions with limited or even
12 non-existent information as to their likely outcomes.
13 In fact, there are excellent chances that riparian
14 restoration projects are being undertaken, even as we
15 speak, often by very hard working, well-meaning groups
16 and individuals, which will have no discernible impact
17 on the ecosystem.

18 This is not to demean the important role
19 of people working to restore the environment in the
20 restoration projects, but one of the goals as a
21 scientist is to enhance the environmental protection and
22 restoration by ensuring its effectiveness. More
23 importantly, we would like to get the biggest bang for
24 the buck in any of these restoration projects.

1 With this in mind, I would like to
2 introduce a specific project that we are developing that
3 will improve the quality of predicting the outcomes of
4 restoration. The Academy of Natural Sciences is
5 developing and plans to disseminate a streamlined,
6 computer-based watershed planning tool that could easily
7 be applied by stakeholders and communities as well as
8 local planning authorities, regulatory and granting
9 officials. The tool would be based on the Academy's
10 expertise in understanding how watersheds work in our
11 expertise in modeling watershed functions. The tool
12 will allow planners to observe the outcomes of
13 computer-simulated form in making informed decisions on
14 targeting resources.

15 I would like now to introduce my
16 colleague, the principal investigator on this project
17 and key developer, Dr. Jerry Mead, to go over some
18 specifics of this tool.

19 MR. MEAD: Thank you, Dr. Velinsky.

20 Good afternoon, Mr. Chairman. I would
21 like to join my colleagues and thank you all for coming
22 here to hear us today. My name is Jerry Mead. I lead
23 the Watershed and Systems Ecology Section of the Patrick
24 Center.

1 What my section is, is I study the
2 disruption dynamics in development of ecosystems,
3 primarily aquatic ecosystems.

4 As a systems scientist, this often
5 involves building computer models that formalize how
6 these systems function. Computer models are a perfect
7 venue to build a bridge to a manager, so they have
8 access to scientific models or complex analysis. So
9 stakeholders, such as managers, planners who want to
10 allocate resources for restoration, these types of tools
11 are of critical interest.

12 The tool I would like to describe to you
13 today could be a tool to increase the efficacy and
14 efficiency at which we go about restoring the functions
15 of aquatic ecosystems. As Dr. Velinsky described,
16 restoration of these aquatic resources is extremely
17 important to the health of our communities, our drinking
18 water -- but the problem is these issues are very
19 complex. The landscape has many different impacts. The
20 impacts occur at many spacial scales, local scales, say
21 at right near the stream reach, or the whole watershed.

22 To add to this complexity is the problem
23 of building a management solution is that it's very
24 costly to implement restoration at these large scales.

1 So you should have a good idea what the benefits will be
2 at these large scales with such a great investment.

3 SWIM, the tool that I'm presenting here
4 today, the Streamline Watershed Integration Model, is a
5 tool that could be used to do this, to target the use of
6 money for restoration much more effectively, and take
7 some of the uncertainty and trial and error out of the
8 current process at which we restore aquatic ecosystems.

9 First, I would like to clarify how the
10 model works in general. It's based on a GIS or a
11 Geographic Information Systems. This is basically a
12 piece of software that stores digital maps of the
13 landscape and then I use computer programs to analyze
14 that landscape at multiple scales, say, a local reach
15 scale or a whole watershed scale.

16 This information can then be coupled
17 with things that are monitored by the Patrick Center or
18 other research institutions, such as diatoms or
19 indicators of environmental health, to formalize a
20 relationship between the ecosystem and the landscape.

21 So one example that I can give you on
22 how this could be useful is the role of riparian forest
23 cover. As Dr. Velinsky described, the band of land
24 neighboring the stream is of vital importance to

1 function. This tool has been developed in a way that
2 you can run scenarios to see what is the potential
3 effect of different reforestation efforts on different
4 indicators.

5 So SWIM has two primary functions:

6 First, you get to assess the current conditions of your
7 watershed at multiple spots; second, is this kind of
8 planning scenario. You can play games. If the
9 landscape is developed or we implement restoration
10 activities, what is the potential benefits to ecosystems
11 services. The real critical thing to SWIM, which is
12 different from the set of models that we have seen
13 developed by places like EPA, is its ease of use. It's
14 not reinventing the wheel. It's making complex analyses
15 available to managers. So that is its key objective.

16 So the interface can be used with
17 minimal amounts of training and that's the goal for its
18 development. So anyone, say, from a local watershed
19 group could get on there and use the tool and focus
20 their efforts. So it minimizes training costs to use --
21 I guess at this point, it would be best if I just give a
22 simple demonstration of the software.

23 So here we have SWIM, the streamlined
24 Watershed Integration Model. So it's the interface that

1 we're promoting here or trying to develop links to
2 existing functions that formalize the relation between
3 the landscape and the health of streams. So the tool
4 makes it easy for people to use this type of
5 sophisticated analysis.

6 The objectives of SWIM is to guide and
7 evaluate stream ecosystem restoration. First, it's easy
8 to use. Its a geographic information system, very
9 simple to use, and I'll demonstrate that in a minute.
10 The framework is for groups to understand potential
11 benefits of land planning.

12 And then last, what we're proposing is
13 once we establish this that PCER will build a growing
14 capacity for this model. So the Patrick Center would
15 act as a filter for quality of the tool, not excluding
16 other research institutions to add their findings and
17 models, but we would have a formal review policy of new
18 research items that could be added to this tool.

19 So just to give you an overview, a
20 conceptual overview of how this works; first the user
21 selects, they go on a screen, they see a map of streams,
22 images, real photos -- kind of like Google Earth -- with
23 maps and municipalities and roads, and they select the
24 streams they are interested in. It could be one little

1 stream, it could be a whole base.

2 Then they select the variables of
3 interest. Right now there's about eight ready-to-go
4 tools or models in the system. So they select which
5 ones they're interested in, and they chose a reference
6 plan. What are you going to compare the impact of
7 management strategy to? Current conditions, what the
8 watershed is now or do you want to compare it to some
9 other management approach? And then next you chose that
10 alternate plan. So what you are comparing to, and then
11 you compare plans with this graphical tool, then you
12 implement the plan, but it doesn't end here.

13 Good scientists have feedback from the
14 users, so people can send comments and request needs for
15 this tool to build capacity.

16 Research to implement the plan: You
17 have a forecasted impact. We can see 15 years from now,
18 5 years from now, how well did the tool work? Do we
19 have to revise the system? So we can work towards a
20 better tool.

21 Then last, research testing the tool.
22 All these things unite where you have a woven bridge
23 between managers and what they need and the scientists
24 answering those calls. Here's a prototype of what you

1 would see on the front of this tool. The way you would
2 use it, in this system I didn't devise this interactive
3 system myself, this is based on a shared vision model
4 approach that I have done work with in the Saint
5 Lawrence system. So I'm basically reusing these
6 concepts for this tool.

7 What we see here, the way you would use
8 the tool generally, in procedural steps is from top to
9 down and left to right. First you select your streams
10 of interest, then you can assess the conditions. You
11 just want to find out what is the forest cover at
12 multiple scales on the banks, upstream on the banks, in
13 the watershed, pervious cover, anything so you can
14 quickly learn about what the status is in terms of
15 environmental conditions of your selected streams.

16 Then you can identify your risks. Once
17 you identify your risks, you can plan for action. This
18 is this plan comparison approach, and I believe all
19 models and tools should be very transparent so then this
20 last bottom thing is a nice link where you can go to all
21 the documentation where anyone who wants to learn about
22 how things really function, there is no hidden mechanics
23 to this model.

24 So here I'm going to walk you through

1 just briefly how it works, and this is how I have it set
2 up now for the Delaware River Basin. You see I have all
3 the streams for the Delaware River Basin split up into
4 these 120 meter long reaches. So stream reach is the
5 fundamental unit.

6 What you do is, is you zoom in. Say
7 you're interested in just this area, you zoom and you
8 can add towns or whatever and you select. Here, the
9 light-blue are the reaches I was interested in. So that
10 starts out the system. It says, this is my area of
11 interest.

12 Then next you use this bulls-eye
13 approach. This is the main graphical tool to understand
14 how the plans compare, in terms of effectiveness. So
15 what you see here, there are two circles, the red circle
16 and the black circle, and what the red circle means, any
17 point or response variable that falls on here is 1/1 or
18 no change.

19 In other words, if we're comparing -- in
20 this case -- current condition to reforesting all the
21 riparian zones we see here total phosphorus -- this is
22 just an example. There was no change for small streams,
23 medium size streams and large streams selected.

24 But as the points move towards the

1 center, you get a greater positive change from the
2 reference to the alternate plan. So the real power of
3 this graphical approach is you can see multiple
4 indicators at once and quickly identify that these three
5 triangles of small streams had a very large positive
6 response. These three had a very positive response, but
7 these had a very low response, and all the indicators.

8 And these are the indicators now ready
9 in the model: Total suspended solids; water
10 temperature; total phosphorus; I have models of fish
11 growth potential, brook trout the State fish; carbon
12 storage. You can quickly say which ones were positively
13 affected and sometimes ones that were negatively
14 affected.

15 You can use this to compare plans. You
16 can look at it and say, what's a risk level. You could
17 say, if it goes into the center. You can define what is
18 a criteria for water quality. You can say how does this
19 response variable perform relative to the current plan,
20 an alternate and current plan.

21 So it's based on a GIS of stream
22 networks. We split it into 120 meter long reaches. I
23 will just give you a little more detail how the model
24 works. I have automated all these things with codes so

1 it can be computer-programmed. It can be expanded to
2 very large geographic areas easily. Here is that 120
3 meter long reach. The code shoots out search vectors
4 and automated fashion, assesses land use and climate at
5 multiple spacial scales. When I say multiple spacial
6 scales, here's our little reach, that 120 meter reach.
7 Then you have reaches that are upstream. Things on the
8 side of the bank. Then you have cold watershed
9 variables.

10 So I have done this for almost 100
11 different land use characteristics. So I have a
12 database that this tool is linked to.

13 Just some of the indicators that we
14 have, a few of them I developed as a post-doc at the
15 University of Pennsylvania, a couple of other ones were
16 developed here by James McNair. This was a USDA report
17 service total phosphorus, total suspended solids,
18 mayfly, stonefly, trichoptera, richness these are the
19 macro invertebrates. A lot of this work has been done,
20 it's just not that accessible to your average planner
21 and that's what the goal of this tool is to do, make it
22 available.

23 So here's just an example of a water
24 temperature model that I constructed graphically showing

1 how things interrelate and to determine water
2 temperature at a site. So we have climate, air
3 temperature interacting with impervious surfaces in
4 riparian zones. We have forest cover. Negative affect
5 on water temperature, riparian zone. The amount of
6 limestone in the banks.

7 So we have assessed this type of data,
8 for the whole basin for each one of those little reaches
9 and we can predict water temperature. That's one
10 example.

11 Water temperature is then used. You can
12 estimate things like growth potential of fish. So here
13 is the State fish, Brook Trout, and I assess the impact
14 of climate change on growth potential of brook trout,
15 but additionally I could use the tool to say where could
16 we reforest these riparian zones to counter-act the
17 climate change so we can really direct that restoration
18 measure.

19 Thank you very much and I would like to
20 turn the podium back over to Dr. Velinsky.

21 MR. VELINSKY: Chairman Saylor and the
22 Committee, I thank you for allowing Bob, Jerry and
23 myself to share with you our plan for the SWIM model.
24 The tools that have been used as environmental

1 conditions are ready for application. We are certain
2 that the user-friendly tool we have presented to you
3 will increase its efficacy to protect and restore our
4 streams' environment.

5 Thank you, again, for your time. We
6 will be happy to answers questions related to the
7 Academy of Natural Sciences, the Patrick Center and our
8 programs.

9 THE CHAIRMAN: Questions.

10 MEMBER ELLIS: The question I wanted to
11 ask. It's really interesting to hear your presentation
12 after working with some in my region who were very
13 frustrated with the existing improvement control
14 program, known as MS4, and also seeing TMDL coming down,
15 and having had some experience listening in silence at
16 the Stradford Research Center the former allies --
17 former partners, that there is kind of an assessment
18 needed to be done to the streams, is along the lines of
19 what you're talking about, that you fed into the
20 computer model.

21 Then I listened to what the regulations
22 are asking, and they are basically focusing on extended
23 solids and solid extensions primary through the system.

24 And I hear the focus, at the municipal

1 planning level, a real need for this tool. I'm curious
2 as to the degree which you have gotten this in front of
3 the regulators at DEP and EPA and whether or not they
4 are actually starting to try to absorb the kind of data
5 processes that you all are doing to give us a more
6 practical approach than the one that they are currently
7 using. As I say, they're extremely frustrated and I'm
8 hopeful we will start to change that.

9 Have you been able to get your model
10 through to DEP and EPA?

11 MR. VELINSKY: More to EPA. They're
12 very interested in this model. They're interested in us
13 to get the model so that it has a user-friendly
14 interface. That's one of the things they're very
15 interested in. So watershed groups can use that tool to
16 assess where should we restore certain parts of --

17 MEMBER ELLIS: That's not quite what I'm
18 getting at. I'm getting at more the regulatory view
19 that they are asking the municipalities (inaudible)
20 currently to meet because the way this is shaking out
21 with EPA telling DEP what to do, and DEP trying to tell
22 the individual municipalities what to do, they're saying
23 things like cut your suspended totals and suddenly the
24 stream is about 85 percent. You might be able to do

1 that by dredging the streams in some cases because there
2 are sediments lying in there, which is extremely
3 expensive, probably pretty bad for the stream, then we
4 would be in compliance. I'm worried about why aren't we
5 using tools like yours to spend money more wisely and
6 more focused to improve the real health of the streams,
7 such as knowing whether the critters in there are doing
8 okay and fish are doing okay.

9 We have plenty of science. You guys
10 have been working on it for years, when you say Ms.
11 Patrick, and then I go and talk to the regulator, we're
12 going to measure the extended solids in there and other
13 stuff we worry about, but we are not going to have any
14 regulation associated with that.

15 MR. VELINSKY: We haven't gotten that
16 far into the grass with this model.

17 MEMBER ELLIS: This is important.

18 MR. VELINSKY: We are just now trying to
19 get the model here to your group and out there so people
20 can see it and can see the benefits of using that model,
21 that's where we are now.

22 MEMBER ELLIS: I mentioned to you the
23 group that I have been working with is extremely
24 frustrated with the MS4 program. Currently they have

1 been in operation for three years out in Chester County.
2 They are working on this, though. They're not bad out
3 there. They have some good resources. It's just with
4 the water resource authority and the folks at the
5 Planning Commission and others who have been studying
6 and working on this issue for years, conservation
7 districts, working to keep the dirt out of the streams
8 and they are frustrated with the way this is going.

9 So we've got to get your information
10 into DEP and get them engaged and I hope we will all be
11 working on helping you to do that, get some people
12 involved in your organization that are familiar with DEP
13 and we need to push that a little bit more, perhaps.

14 Thank you, Mr. Chairman.

15 THE CHAIRMAN: I want to follow up a
16 little bit more with Chris on the DEP.

17 I kind of come from my experience a
18 number of years ago when I tried to deal with them on
19 the runoff. The problem I had with DEP over the years
20 is particularly going into a lot of areas and I have
21 looked at Connecticut and a lot of other states around
22 the country, particularly northeast. It seems like DEP
23 is very resistant to new ideas. Any comment on that?
24 The problem I have had is getting them in my area.

1 York County has very good soil
2 Lancaster, York that region, Chester County has very
3 good soil as well. It seems like we are constantly
4 eating up farm land and putting it into housing and the
5 soil we would like to see people building on they can't
6 because we haven't -- DEP have not accepted some of the
7 other practices that happens in other states for septic
8 sewage disposal.

9 Rather than just -- my problem is I
10 believe sewer plants are the worse thing that can come
11 around unless you're in a very urban setting, I believe,
12 because what happens it seems to me is we take all this
13 sewage, we ship it off to the plant, we take the water
14 supply and we plunge it into a stream, and thereby, the
15 water supply -- the ground level water goes away. It
16 goes lower and lower. I have seen that in York County
17 and other places, there is no natural cleansing of that
18 system. Am I wrong? Can you give me that to kind of
19 follow-up.

20 It just seems to me DEP has not been
21 working to avoid it. It seems like they're sticking to
22 old technology. It may work in Vermont, it may work in
23 Connecticut or Massachusetts, but we're not willing to
24 accept that until after we have tested it for 25 years,

1 I found that in sewage more than anything else.

2 That concerns me because of both sewage
3 systems and farm planning.

4 MR. VELINSKY: I mean, I'm not that well
5 versed on the part of DEP. I would imagine that not one
6 system fits all areas.

7 THE CHAIRMAN: Can you tell me in the
8 case of sewage plants versus say, the nature septic
9 system that we're filtering through the ground and
10 everything because, again, you have to be very careful.
11 You need sewage facilities.

12 When you're out in the country and you
13 build 20 acre lots, which everybody now wants. We're
14 not helping our environment by this sewage system; am I
15 wrong with that?

16 MR. VELINSKY: Think about it this way,
17 if you can look at the area we're developing and make
18 the assessment that the load of nutrients that will go
19 through the septic tanks is too much for your watershed
20 to handle, then you need to go to more of a centralized
21 treatment. Remember, that centralized treatment can
22 treat it far better than septic systems, given the
23 volume.

24 So again, it depends on where you are in

1 the watershed, what's the density of the flow through
2 the ground of the system. There is not one answer to
3 that question.

4 THE CHAIRMAN: I guess the concern is we
5 are flushing more water into the stream than it
6 naturally normally does because it's coming out of the
7 sewer and the water is treated and now the DEP is
8 involved.

9 And I'm just wondering again -- at least
10 my own philosophy is it would be better if it would
11 naturally fill the ground water or ground systems and so
12 on and we're increasing the amount of flow into these
13 streams from sewage because everything is being shipped
14 from one location and dispersed from there rather than
15 natural systems.

16 MR. MEAD: I think the point you were
17 trying to make is there is a balance between the
18 ecosystem's capacity to hold to process a certain load
19 and then there is a scientific debate on how much
20 nutrients can continue to abate and intercept their
21 scientific evaporation response. I don't know if we
22 quite figured that out yet.

23 I agree with you totally that the
24 environment can provide a lot of services we have

1 probably not used them to capacity but there is a danger
2 to exceed the threshold to the environment.

3 THE CHAIRMAN: I guess that's my
4 concern, as we develop, as Central PA is developing
5 very rapidly, it seems like Pennsylvania taxes are so
6 much lower compared to Maryland, New York and New Jersey
7 and we're getting a lot of new residents. And the
8 concern I have, what does that do to our streams and our
9 water quality plus the flooding concern coming about,
10 plus because we are continuing we have water running
11 into the streams.

12 We'll move on.

13 Brian, go ahead.

14 MEMBER ELLIS: Just a couple of things:
15 You have gotten the Growing Green Grants to study the
16 dam removal. Did you study before you used these types
17 of analyses to see what it would do and then remove it?

18 MR. VELINSKY: At the time, this
19 analysis wasn't there at all. There was a separate set
20 of projects where we started to develop the process to
21 start developing this type of tool 2002, '3, '4 and '5
22 that's when we started to fully look at this type of
23 watershed model. At the time we did the dam research at
24 the Manatawny, that was specific to the Manatawny, it

1 wasn't on the books at that point.

2 MEMBER ELLIS: I guess what I'm looking
3 at -- and Chris and I generally look at things a little
4 bit different -- I want to know, can a business who is
5 about to come in and use this software and say, If we do
6 this, but we also do this, we'll be able to not have an
7 adverse affect on the streams?

8 MR. MEAD: That's the idea.

9 MR. VELINSKY: That's the idea or if a
10 watershed group says we want to restore this 100 meter
11 reach at this point in the stream, and you would say,
12 All right, what kind of benefit will it have to the
13 stream system? One would love to be able to say, Well,
14 at this point down the stream, this point of the
15 restoration process, you're going to find this kind of
16 quality in the stream, as opposed to, well, it looks
17 like it's good and we want to get the community
18 involved, but you might want to know a little bit about
19 the (inaudible) of the ecosystem. That's what this tool
20 is for.

21 MEMBER ELLIS: I understand.

22 And then, if you can sum up for me real
23 quickly, just so I understand it, as simple as you can,
24 how do we, as a Commonwealth, benefit? How do we save

1 money? You said it's going to save us money in the
2 long-run, specifically, how would the implementation
3 help us?

4 MR. VELINSKY: A group might come to the
5 Commonwealth to say here we need \$100,000 to improve the
6 riparian zone in Pennsylvania's Brandywine Creek or Mill
7 Creek. We go to the model of this tool in the
8 development part of that restoration process and say,
9 Well, you could spend that money here and you're not
10 going to see any benefit. So you say, Well, should we
11 even do the project or should we say let's move it to
12 another location that will have benefits. Then the
13 judgment is, is the benefits worth the \$100,000
14 investment. That's another question.

15 Right there you know, I mean, if you're
16 going to say, Well, we'll put this new riparian buffer
17 in and we'll see the ecosystem improve down stream.
18 Well, what we would hope to say is, That recreational
19 area is back, now you would have more people come back
20 to do whatever they like in that area boating or fishing
21 or whatever, versus not having that area. There is a
22 benefit downstream, depending on what you do upstream.

23 THE CHAIRMAN: It's almost like if you
24 would take a highway. Do I start reconstructing the

1 road in the south or north evaluating where you should
2 do something on the street.

3 MEMBER ROSS: There is some real life
4 experience in here where the fellow was trying to put in
5 a new development and he was being asked to have no
6 negative affect on the system, and you can't. After a
7 certain point, you can treat it, but there is going to
8 be some negative affect. So they ultimately wind up
9 letting the application go through because he then went
10 and purchased (inaudible).

11 Also were the watersheds to improve the
12 quality? The question is how much should those cost in
13 -- down in the City of Wilmington, in the bottom of the
14 Brandywine River watershed, in Christina, they have
15 defined storm and sewer pipes effectively, the storm
16 water going into the sewers if have you a big
17 (inaudible) come back and up; and it's not effective to
18 tear that apart and completely reform the entire City of
19 Wilmington to its (inaudible) completely drop the
20 (inaudible) again by doing stuff up stream.

21 If you don't have a mechanism like this
22 to measure it, then you're going to be guessing whether
23 or not you want to do it or not.

24 And probably what the regulatory agency

1 tend to do is over-do it a little bit to make sure that
2 they are getting enough in return. If you are able to
3 make it more exact, you can keep the cost down and
4 actually you get a better stream and you're building.

5 MEMBER ELLIS: Everyone is learning. So
6 continuing on with this -- and I understand the logic
7 behind it. How do you say to the legislative members of
8 the Republican Committee -- Chris does a great job --
9 then we'd say to the DEP we are going to use this.
10 Where would it be mandated? Would it be mandated using
11 it somewhere? Do you know the road? How is it --

12 MR. PECK: We have the Clean Water Act.
13 There is stuff coming down at us already. We are having
14 trouble right now trying to figure out how to absolve
15 that and trying to figure out how to manage this stuff.
16 So the place where this needs -- I think need to be
17 (inaudible) in the regulatory federal in DEP and EPA
18 that way, whether it's a business that wants to do
19 something new or whether it's a municipal system that is
20 struggling with staying in compliance, they will know
21 what they can do -- the best to get the best results in
22 getting in compliance, but we have got to get some
23 (inaudible) to fix the streams, but it's not getting
24 recognized through the regulatory system. You are not

1 getting any credit for it. Then we are coming
2 up (inaudible) you want to spend something else on this
3 other thing which is more trouble.

4 MR. VELINSKY: Another way I look for
5 the Growing Greener application when these groups have
6 submitted proposals to restore stream XYZ which, in that
7 submission, it could be required in the FOP that they
8 have to use something to show what the potential
9 benefits are and try to quantify it as best as possible.
10 It's not in the regulatory sense, it's more in the
11 program sense. Another type of granting opportunity.

12 THE CHAIRMAN: Sandy.

13 MEMBER MAJOR: Which ties into -- if you
14 can help clarify for me. My northern legislative
15 districts Wayne County, the Delaware River comes in and
16 then Susquehanna River comes from New York State, I have
17 both rivers that I deal with. And in saying that I also
18 deal with the Delaware River Basin Commission and the
19 Susquehanna Commission. So my question to you is how do
20 you interact with that?

21 What we are talking about is all fine
22 and good, but I hear so much from those two Commissions
23 that they oversee and regulate so much that goes on in
24 the two rivers that run through my district.

1 MR. VELINSKY: I know, I interact with
2 the DRC very closely. I'm both on their committee and
3 in their program. This program that Jerry has been
4 talking about is developed through them. We would work
5 with them, Carol Collier and that group, to make sure it
6 some how becomes part of what they can use in their
7 planning -- one of their tools in their tool box, as you
8 might say.

9 I don't know if Paul Swartz is still in
10 the Susquehanna River Basin Commission, but we try to
11 and in the Chesapeake Bay, primarily Delaware, they are
12 all over there too. I have good relationships with
13 various people on their Green Programs. This is
14 something that if we really develop it further, which we
15 hope to, that we would go to our road trip and show it
16 and try to get it done if it's in the regulatory sense
17 or more in the program development sense.

18 MEMBER ROSS: Both David and you are
19 saying definitely in the regulatory sense.

20 MR. VELINSKY: At least people can use
21 it. So when they apply for project money they can at
22 least say they have used this tool and it's going to
23 show a 50 percent in stream health, whatever you want to
24 call it, at this location, isn't that what we want? And

1 the people who are funding it can say, yes, this is what
2 we want as opposed to going to the (inaudible), well, it
3 might have no impact. You will say why we are spending
4 the money or why don't we spend the money somewhere
5 else? And that, in fact, well may be the case in
6 (inaudible) the model can actually say let's put the
7 (inaudible) up here versus start down, start up stream.
8 You can sort of do the planning beforehand as well as
9 during and after.

10 THE CHAIRMAN: Any other questions?

11 MEMBER ELLIS: I have a concern. I mean
12 I see the benefits of it. If we give this to the DEP
13 and it ends up shooting down more problems, creating
14 more problems requiring more money and all the time this
15 could have the exact opposite reaction to what we want
16 to accomplish, which is to create cleaner streams and
17 better streams, but it could completely stagnate the
18 ground of any kind and it could also put communities and
19 municipalities into situations where they are spending
20 way more money. Taxes are going up because of this
21 great system that you guys came up with. What if it
22 goes -- am I looking at it wrong?

23 MEMBER ROSS: I think you are because I
24 think what happens is the standard winds up coming down

1 from EPA and DEP (inaudible), the phosphorus in the
2 streams will be reduced by X the (inaudible) will be
3 reduced by Y. The regulatory side, the part that you're
4 worrying about (inaudible) what tools we are after.
5 That's why I'm saying that you (inaudible) benefits but
6 it prevents sort of combined efforts to try to get into
7 clients that aren't going to be very selective.

8 I worry a lot about some of our
9 municipalities spending money on stuff that isn't going
10 to improve the situation at all, a lot of time, of
11 filling out the paperwork and hiring engineers, getting
12 people to (inaudible) around costs a lot of money, if
13 it's not focused and you don't know for sure what you're
14 doing, you're going to waste money going forward. Your
15 concern would be more directly with the regulatory
16 policy in the first place.

17 The fact is that the regulatory policy
18 is ultimately affected by facts. Sometimes it's slower
19 than you like. The enforcement policy is what makes it
20 slow. You have to do this or a policy of picking one
21 parameter and making out the (inaudible) for everything
22 you have to do, which is wrong, I think, but there are
23 so many other aspects of the regulatory policy that
24 could affect efficiency. (Inaudible) your model you

1 don't have to treat that much which, in another part,
2 you need to treat even more than you have to.

3 For the first years of environmental
4 regulatory policy it was ready-fire-aim. The best thing
5 to do is, of course, is to aim first. And by picking
6 what part of a stream you want to do something with,
7 based upon the outcome, which is policy decisions, not
8 scientific ones. You find the problem, that's targeted
9 and every resource that you allocate is targeted. That
10 sometimes helps.

11 The other thing is with a specific
12 project, you'll do something which will actually help.
13 For example, clean up a stream. The development of a
14 brown field or gray field actually has a benefit if done
15 right. So development isn't a dirty word. The model
16 will tell you yes or no. We don't take a position about
17 whether it's a good thing. You have to take a position
18 that says I want the result, and we could start
19 (inaudible) about whether one thing or another will
20 spring you that result. If we have these kinds of
21 tools, that's important.

22 The other thing, you have resources
23 before you start. Where do you investigate? Where do
24 you do inspections? Where do you do enforcement? What

1 if you, as the Attorney General, levy a penalty and want
2 some benefit to come from it. Where do you say, do this
3 or do that? What did you get for that dollar? What did
4 the wrong doer get in violating that in a particular
5 place? So quantification ends a lot of fights or puts
6 them where they ought to be.

7 Okay. Now, we know what the cost is.
8 Do we want to pay that or not? Not is a definite
9 answer, but if you're arguing about yes, it will; no, it
10 won't; then you haven't done very much.

11 You also want to know later if any
12 individual efforts that has been made in enforcement
13 initiative, in case a stream bank changes, a municipal
14 water stream lowered or raised, did it work and if it
15 didn't, don't do it again or do something else similar
16 as the model.

17 I think if the model were developed for
18 other parameters besides the aid that we have, if it
19 were developed for other things like, in particular,
20 urban run-off for some of our areas, if it were
21 developed for other kinds of watershed in Pennsylvania
22 at least -- and if the powerpoint were demonstrated in a
23 couple of environmental hearings or court cases, you
24 would then see -- and people could make that happen with

1 the right expert witnesses and a few bucks -- then you
2 would see enforcement policy getting changed.

3 If all you can come in and say, My
4 project won't do what you say, but you say it did and
5 EPA says it will, then you don't win. If you have this,
6 you could show them something.

7 The final area is if you are given or
8 you have gotten over \$39 million to make stream banks
9 better. Okay, which ones? And will a \$10,000 project
10 actually be more efficient in a given area? I would
11 give my money to the (inaudible) if I had something that
12 could tell me I could get more bank for the buck. What
13 if I could get more (inaudible) for that result, I
14 would. That's how I would spend the money, the more
15 specific way.

16 Then (inaudible) whatever, you can
17 afford, show us some results by that method, that would
18 be a real good use of oversight. If you had confidence
19 in the tools from other experiences, rather than say I
20 don't like it or (inaudible) and everybody loves you
21 because the money is coming to them. How about having a
22 real answer.

23 THE CHAIRMAN: I think that's the
24 concern I have. A lot of times we'll throw money at

1 something to solve a problem. We do the project and
2 nothing has changed. It kind of puts me in mind of a
3 municipal planning in New York. It was kind of
4 interesting. You have to spend the money for highways.
5 We many times see the traffic impact is elsewhere on
6 that major road, but you can't use it there, you have to
7 use it here, which is really a waste of money and you're
8 not really solving the problem for that county. And
9 that's what you're -- kind of what you're telling us
10 here. Let's find out where the most impact for those
11 dollars is. We can solve that problem before we just go
12 out and throw money at a problem.

13 I'm pleased to have Mr. Seif with us.
14 Would you like to make comments?

15 MR. SEIF: I think David Velinsky said
16 in his testimony it's through education and so on
17 because this is a scientific area, because the Academy
18 had been looking at this for several decades, I think we
19 are little bit further ahead where we can say something
20 works in this area.

21 Again, Bob, it comes down to the
22 highways. Who set the legislation (inaudible) set it
23 and we pass the orders on the highway expansion, then we
24 say it has to be used here where you approved it. The

1 real problem is, if there is no problem here, then you
2 have a problem. I think it is amazing use scientific
3 fact or (inaudible) fact rather than just legislators
4 (inaudible) numbers in cases.

5 Brian, you and I agree. Chris, may not
6 (inaudible) where an environmental plan you need to do
7 something here no matter what you do here, you really
8 don't solve the problem.

9 MEMBER ELLIS: Obviously, by your
10 statement it would help more (inaudible) for projects,
11 it's not just, you asked for results. This would say
12 there is a better likelihood if we do this rather than
13 that, that could actually simply take the politics out
14 of (inaudible) the democrats have had very bad streams,
15 the republicans that had (inaudible). We may be able to
16 (inaudible) any circumstance.

17 MR. SEIF: That's the picture of the
18 State that I had when I was in office, but I understand
19 your point. And the fact is that isn't true and it's a
20 shame that there is even a perception of that.

21 If we have targetable tools, let's use
22 them and stop bickering about it. David, that's one of
23 the main purposes of the tools to help the (inaudible)
24 we want to do this at this location. Do we have any

1 idea what the impact is.

2 THE CHAIRMAN: If there are no other
3 questions. I want to thank you guys for -- as somebody
4 who comes in here who is not a techie and not an expert
5 on those kinds of things, it's easy to see there is
6 something out there to show really how we're spending
7 our dollars and educating ourselves.

8 We had good membership here. Chris is
9 kind of our environmental guy. We pick on him a lot,
10 but he teaches us. Chris is one of our smarter guys, in
11 terms of environment. We just have fun with Chris a
12 lot.

13 Again, thank you. Because from our
14 point of view, I think we, as legislators, tend to feel
15 that sometimes everyone feels that the legislators know
16 all the problems as well (inaudible) then we just go to
17 Harrisburg and we look to fight and argue.

18 Of course, I always tell people in my
19 district, the problem is when you get to Harrisburg no
20 matter what part of the state you come from, you have
21 different problems that other regions have to get a
22 (inaudible) there is a problem, and then you have to get
23 a (inaudible) of one.

24 Thank you for taking time out of your

1 schedules to help educate a few of us.

2 MEMBER ELLIS: I look forward to the
3 road show.

4 (Whereupon, the above-entitled matter
5 was concluded at 2:30 p.m., this date.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

C E R T I F I C A T E

I hereby certify that the
proceedings and evidence are contained
fully and accurately in the
stenographic notes taken by me on the
hearing of the within cause and that
this is a correct transcript of the
same.

VIRGINIA MACK
PROFESSIONAL COURT REPORTER